

CENTER FOR SCIENCE IN THE PUBLIC INTEREST
1875 Connecticut Avenue, N.W., #300
Washington, D.C. 20009
(202) 332-9110

"The Future of Pharming: Can it Be Done Safely"
A CSPI Conference on Emerging Technologies

1:00 to 3:00 p.m.
Tuesday, December 17, 2002
National Press Club: Holeman Lounge
Washington, D.C.

[TRANSCRIPT PREPARED FROM AN AUDIOTAPE RECORDING.]

P A R T I C I P A N T S

Michael F. Jacobson, Executive Director, CSPI

Dan Charles, National Public Radio

PANELISTS:

Dr. Rhona Applebaum, Executive Vice President,
National Food Processors Association

Gregory Jaffe, Biotechnology Project Director, CSPI

Julia Moore, Woodrow Wilson International Center

Dr. Michael J. Phillips, Executive Director,
Biotechnology Industry Organization

Dr. Allison A. Snow, Professor of Biology,
Ohio State University

- - -

P R O C E E D I N G S

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

MR. JACOBSON: [In progress] -- executive director of the Center for Science in the Public Interest. CSPI is a non-profit consumer advocacy organization that focuses on health and environmental issues, especially nutrition, food safety, and alcohol problems. You can learn more about our activities on our website, www.cspinet.org.

For the past 2 years, CSPI's project on agricultural biotechnology has sought to provide a moderate voice in what is often a shrill debate. This forum is part of CSPI's effort to inform the public and improve the appropriate regulation of their technology.

I would like to welcome attendees here at the National Press Club in Washington, D.C., and C-SPAN viewers to CSPI's forum on so-called pharma, p-h-a-r-m-a, pharma crops, one of the most controversial applications of agricultural biotechnology. We will be debating the use of food and other crops to produce drugs and other industrial chemicals.

That topic is particularly timely considering that only 10 days ago, the U.S. Department of Agriculture fined the ProdiGene Company \$3 million for failing to fully

1 contain two corn crops that it had engineered to produce an
2 animal vaccine.

3 Pharma crops have the potential to provide
4 tremendous consumer benefits, but if misused also have the
5 potential to doom the technology here and abroad. The issue
6 is how to move forward in a manner that safeguards human
7 health and the environment, if that is possible.

8 Government regulators seem to need some help, and
9 maybe this panel discussion can begin a dialogue that leads
10 to better regulation of this technology. Knowing the
11 participants both on the panel and in the audience, I am
12 sure we are going to have a lively discussion. Then, after
13 the panelists have their turn, I hope the audience will ask
14 plenty of questions and provide their comments.

15 Viewers on C-SPAN can send in questions by e-mail
16 to bio@cspinet.org.

17 Our panelists today will be introduced by Dan
18 Charles, who will moderate the forum. Dan Charles is author
19 of "Lords of the Harvest," a highly praised and highly
20 readable book about agricultural biotechnology. He is also
21 a contributor to National Public Radio and the Journal of
22 Science.

1 Dan?

2 MR. CHARLES: Thank you, Michael.

3 It is very good to be here. I am glad to see all
4 of you out. I am glad to see such an illustrious panel.

5 When corn isn't corn anymore, it turns a lot of
6 people's worlds upside-down. I think this is one of the
7 reasons why this has gotten so much attention. The grain
8 handlers and food processors of this country found that out,
9 to their shock and their horror, a couple of years ago with
10 the so-called Starlink Episode, when that gene in corn
11 showed up in grain elevators in the Midwest and wasn't
12 supposed to.

13 In recent weeks, as Michael mentioned, there has
14 been this case involving a company called ProdiGene with
15 corn plants that were drug factories, weren't supposed to be
16 in food. Some of those kernels fell on the ground, sprouted
17 the next year. Chopped-up bits of those corn plans ended up
18 in an elevator full of soybeans and had to be, in effect,
19 quarantined. This is not something that any farmer or grain
20 processor could have imagined a few years ago: corn and
21 soybeans getting quarantined.

22 Ever since Starlink, ever since a couple of years

1 ago, I personally have been wondering and waiting and
2 writing when is the food industry going to put its foot down
3 and put an end to this, very quietly, very effectively, how
4 are they, if they will, going to pull the emergency brake on
5 the train of agricultural biotechnology. And in recent
6 days, I have started wondering if, in fact, that is now
7 happening.

8 It certainly seems that way when you read a
9 position paper from the National Food Processors
10 Association, and I quote from it, "There is an unacceptable
11 risk to the integrity of the food supply associated with the
12 use of food and feed crops as factories for the production
13 of pharmaceuticals or industrial chemicals," quite a
14 surprising statement, to me at least. Maybe other people
15 saw it coming.

16 Today, in this room, we are going to figure out
17 exactly what is happening on this technological frontier,
18 pharmaceutical production in plants, and we will hear what
19 should be happening.

20 We have all the right people right here in this
21 room, but before I introduce them, I will explain the format
22 for our discussion. For the next close to an hour, 45

1 minutes to an hour, I will lead a discussion with our
2 panelists. I will ask them questions. They can also ask
3 questions of each other. Then we will open it up for
4 questions from the floor and also from our television
5 audience.

6 Viewers on C-SPAN have an e-mail address that they
7 can use to send in questions, which will then be shuttled up
8 to the front of the room. The e-mail address is
9 bio@cspinet.org. You can send e-mail questions and they
10 will get here.

11 You can write your questions down on little
12 sheets, little cards that Asher Wolf, who is standing in the
13 back of the room there, will have available to pass out to
14 people, or when the question time comes, you can go to the
15 microphone. I guess there is just this microphone over
16 here. So, anyway, that will all come later in the question
17 time.

18 I should say also we have had two cancellations
19 from the panel that we sent out that we announced in the
20 invitation. Anthony Laos from ProdiGene for personal
21 reasons had to cancel over the weekend. So I am sorry to
22 report that he is not here today. Also, Jim Brandel from

1 AgCanada throughout his back, and he can't get in a car or
2 an airplane to get down here to Washington.

3 We do, however, have the panel, and I will
4 introduce them quickly and briefly. Rhona Applebaum comes
5 to us from the National Food Processors Association, the
6 organization that I mentioned earlier. She is executive
7 vice president of the National Food Processors Association
8 for Scientific and Regulatory Affairs. That means she
9 handles all things having to do with regulation of food,
10 food safety, and such things. She is also a scientist with
11 a Ph.D. in microbiology, food microbiology, from the
12 University of Wisconsin.

13 Next to her, we have Allison Snow, who is one of
14 the country's leading experts on what has come to be called
15 "gene flow" from transgenic crops, from genetically
16 engineered crops. She teaches at Ohio State University.
17 She is professor of Biology there, was trained as a plant
18 ecologist, and her current research focuses on molecular and
19 ecological approaches. That has to do with the question of
20 how crop genes move into other plant populations, how they
21 cross-pollinate, how the genes move naturally in the field.
22 Some of her recent research that was published had to do

1 with sunflowers, transgenic sunflowers and their wild
2 relatives, of which there are many.

3 Next to Allison, there is Greg Jaffe from the
4 organization that has organized this event, the Center for
5 Science in the Public Interest. He is director of the
6 project on biotechnology at CSPI. He has had a long and
7 distinguished career in the Government before he came to
8 CSPI as a trial attorney at the U.S. Department of Justice
9 and also as a senior counsel with the Air Enforcement
10 Division of the EPA.

11 Julia Moore is an independent scholar now at the
12 Wilson International Center for Scholars. She in the past
13 has been director of Legislative and Public Affairs at the
14 National Science Foundation and has also worked for the
15 State Department, has focused on questions of public
16 acceptance of new technology and public reactions to it.

17 Finally, Michael Phillips is -- your exact title
18 is executive director for Food and Agriculture at the
19 Biotechnology Industry Organization, or BIO. It is the
20 largest trade organization that represents the life sciences
21 industry, biotech companies both for pharmaceutical and
22 agricultural uses. Before joining BIO, he was executive

1 director of the Board on Agriculture and Natural Resources
2 for the National Academy of Sciences.

3 So we are happy to have this panel here. I am
4 going to start the questioning with you, Rhona Applebaum,
5 because I mentioned this statement in my introduction and it
6 struck me. Your organization has in the past been
7 supportive of biotechnology and its application in
8 agriculture. You have defended its record of safety.

9 Here, we have this example. It is a tiny amount
10 of acreage. It is a tiny amount of product. It has been,
11 apparently, safely contained in an elevator, but you have
12 raised the alarm. You have talked about risks, unacceptable
13 risks, and I am curious why now.

14 DR. APPLEBAUM: Thank you, Dan.

15 Very quickly, regardless of how small an amount
16 there is out there -- and again, we must realize that it is
17 not being commercialized at this point in time, it is still
18 under test development -- the food industry, the processed
19 food industry and the food industry as a whole, we live
20 under zero tolerance. So any chemical, any compound that is
21 unapproved for human consumption, any level, deems that
22 product unadulterated.

1 So, with that, above our support for agricultural
2 biotechnology -- and we are supporters of agricultural
3 biotechnology, absolutely -- this is just a sharp left turn
4 off of what we consider the agricultural biotechnology
5 highway, and that is why we are focused on this because we
6 are dealing with substances that are not approved for either
7 human or animal consumption, and with that said, any level
8 that might escape, any level that can't be contained or
9 confined with 100-percent certainty would deem the food
10 supply unadulterated, and we cannot live with that unless
11 there are in place the necessary preventive measures and the
12 necessary regulatory oversight to ensure 100-percent
13 prevention.

14 MR. CHARLES: I need to turn to Michael Phillips,
15 then, at this point. Rhona ended with if there are no
16 measures to ensure 100-percent prevention. Are there
17 measures that will assure 100-percent prevention of escape
18 of these, what have to be called, contaminants into the food
19 supply? Can you ensure that the activities currently
20 underway can be carried out safely?

21 DR. PHILLIPS: Thank you, and I appreciate the
22 opportunity to be here today.

1 First of all, I would just say that I couldn't
2 agree more with what Rhona has just said. Not only does the
3 food industry live in a zero tolerance, but that is the law.
4 Any product that is not approved for food or feed use, if it
5 is found in the food supply, the food supply is considered
6 to be adulterated, and so what is needed here and what we
7 have, to a great extent, already are mandatory regulations.
8 This is a very regulated industry.

9 The recent incident with regards to the ProdiGene
10 example is a perfect example of how this regulatory regime
11 does work because it does work. What we are dealing here
12 with is a company that has a compliance issue. They did not
13 follow the rules of the game that are laid out, and when you
14 don't follow the rules of the game, you pay a huge penalty.
15 I think paying 3 million-plus in terms of reimbursement to
16 the Government and to -- in terms of fines is a really heavy
17 price to pay, and I think that has sent a signal to any
18 company or university that is in the business of conducting
19 field trials that you do have to follow the permit
20 conditions upon which you are by law to follow.

21 Having said that, we at BIO also have a very rich
22 stewardship policy that runs parallel to that of the

1 Government regulations, and we are going to continue to work
2 on that policy. We are going to continue to support the
3 regulators in terms of the types of regulations that are
4 needed in this area, so that when you are living in a
5 zero-tolerance world, you can ensure the public that,
6 indeed, there is a zero policy, containment policy that is
7 being met.

8 So I will say at the end of my brief comments here
9 what I said at the beginning. We could not agree with the
10 food industry more. We support exactly what Rhona has said,
11 and realizing the environment that we all are working in, we
12 need to have regulations, mandatory regulations, which we do
13 have today from both USDA and FDA in this arena and upon
14 which we are all working in terms of providing comments on
15 even further enhanced regulations that FDA and USDA have put
16 out for comment, and we will continue to work with both the
17 food industry, the grain industry, and the Government
18 regulators to ensure that, indeed, we are meeting a zero
19 tolerance.

20 Both of the first speakers have talked about zero
21 tolerance and how that is important and that is necessary.
22 I want to turn to you, Allison Snow.

1 The specific case of the ProdiGene example has
2 been using corn as a pharmaceutical factory. Zero escape in
3 corn, is that actually possible?

4 DR. SNOW: Yes, thank you.

5 I think on a field-testing scale, that is
6 possible, but on a commercial scale, it is very impractical
7 because corn is an out-processing species. It is a food
8 commodity that is trade all over the world. The seeds are
9 alive when they are shipped to other countries, and they are
10 taken by farmers and grown illegally in other countries.

11 So, while we might be able to regulate field tests
12 within the U.S. and maybe even commercial scale within the
13 U.S., from the committees I have been serving on and the
14 meetings I have had with scientists around the world, I
15 think we need to take sort of a global perspective and not
16 use a crop like corn because we know already that these
17 transgenes are able to move across international boundaries.

18 They are probably in Mexico, and I would be happy
19 to talk about that further if anyone is interested.

20 So we really can't contain transgenes that are in
21 a food that is traded so widely and a crop that out-crosses
22 too freely. So I would recommend what Rhona was saying is

1 that we separate the food crops from the pharmaceutical
2 crops and not use the same species for those purposes.

3 MR. CHARLES: I think I want to follow up,
4 actually, a little bit with that.

5 You say you can't do it, but what if, as
6 requirements has been suggested, the crops that are
7 pharmaceutical production crops are in fields separated
8 somehow or far away from other corn crops? Why do you say
9 it can't be done?

10 DR. SNOW: Well, even within the U.S., I think it
11 would be difficult because the distance that genes move -- I
12 guess that is what you are getting at is how do genes move
13 around and could you isolate them physically --

14 MR. CHARLES: Yes.

15 DR. SNOW: -- we know that most pollen from a corn
16 crop lands near that crop, but a small amount goes a very
17 long distance and it is hard to tell how far. It might be
18 as far as a mile, but that is really a small problem
19 compared to where the seeds go, and the seeds can be in the
20 farm machinery. They can fall to the side of the road.
21 They can be shipped around the world inadvertently perhaps,
22 after the pollen has taken the transgene with the

1 pharmaceutical trait into someone's crop. There are a lot
2 of ways that these genes are getting around. So I just
3 don't think it is feasible on a commercial scale, even with
4 all the best intentions, to get zero -- well, complete
5 containment, 100-percent containment.

6 MR. CHARLES: Okay. Greg Jaffe, turning to you.
7 The current regulatory system, you have written has
8 weaknesses. What is possible to do with the regulatory
9 system? Because you have also said you want the technology
10 to continue being developed. You see value in it. You see
11 potential benefits. So what kind of regulatory system in
12 your mind would actually allow that to be realized?

13 MR. JAFFE: Thank you, Dan.

14 It was interesting to hear from both Rhona and
15 Mike that they want a mandatory system, and I think that is
16 what we want, a mandatory system that checks to ensure that
17 these products before they are commercializes are safe for
18 human consumption and for the environment, and I think that
19 the system that we have today doesn't do that.

20 How could the system be improved to do that? I
21 think there are several things. First, I think you would
22 want a mandatory permitting, an oversight system, that

1 before you have even a field test, before any of these are
2 grown at all in the open, they require a mandatory
3 pre-market review, in the first case for environmental -- an
4 environmental assessment and then a permit issued by USDA.

5 Currently, USDA does not require permits for food
6 crops that contain non-food substances. A lot of them do
7 get permits, but it is not required by the law. There are
8 industrial compounds that have been out there that have been
9 grown in food crops without getting a permit under what is
10 called a notice-and-go where there is no environmental
11 assessment done for that crop. So I think that is the first
12 thing that would need to be done is a mandatory permitting
13 system that does a thorough environmental assessment before
14 these crops are released.

15 The second thing would be a pre-market mandatory
16 approval process at FDA to ensure that when and if these
17 crops -- or these products get into the food supply that
18 they are safe to eat. I hear people talking about zero
19 tolerance and I also hear Allison saying that, sooner or
20 later, these are going to get into the food supply if you
21 use something like corn, and I think the appropriate thing
22 to do is to do a food safety assessment of these before they

1 are commercialized so that, if and when they get in the food
2 supply, we know that they aren't a harm to humans, and that
3 if they are there in small quantities, we don't have to have
4 billion-dollar recalls, like we had in the Starlink case.

5 Now, to do that would require legislation, and
6 somebody like Senator Durbin who introduced his Genetically
7 Engineered Foods Act back in October, his bill would do
8 something like that. It would require anything grown in a
9 food crop, whether or not it is intended for the food system
10 or whether the engineering there is used to produce a
11 pharmaceutical or industrial compound, that it would require
12 a food safety assessment before that product could be
13 marketed. So I think those are two things that need to be
14 done in addition to, as Rhona and Mike and BIO and the food
15 industry have said, strict containment and strict oversight
16 of that containment.

17 MR. CHARLES: Now, up until now, we have been
18 talking about science. We have been talking about risk,
19 and, Greg, you just said if we can do a food safety
20 assessment and ensure ourselves that trace quantities are
21 safe, we wouldn't have to abide by this zero tolerance, this
22 impractical, apparently, zero-tolerance level, impractical

1 at least if we believe Allison Snow.

2 But there is another thing, and I wanted to ask
3 you, Julia Moore, how far do we get addressing things like
4 scientifically evaluated risk of these things or is there a
5 whole realm of public reaction that we are missing here that
6 has to do with perceptions that aren't necessarily
7 correlated with what some laboratory might come up with in
8 terms of risk to a human population, when we are talking
9 about things showing up in food crops that weren't
10 originally intended to be there.

11 MS. MOORE: Well, I think you are seeing a
12 zero-tolerance policy on the part of the National Food
13 Processors Association because, in a global marketplace,
14 consumers have zero tolerance for what they perceive as
15 unsafe food products -- again, what they perceive as unsafe
16 food products.

17 Consumers attitudes aren't formed, really, by
18 scientific measurements. They are formed on the basis of
19 whether they see mandatory rather than voluntary policies.
20 They are formed on the basis of whether they see consumer
21 groups supporting or not supporting existing regulations.
22 They are based on how industry comports itself in a global

1 marketplace, and I think that if you look at the genetically
2 modified food debate in Europe, what is more commonly known
3 as the Franken Food Debate ,you can see what happens in a
4 world when that confidence in the regulatory system and in
5 industry's ability to introduce a new technology is dashed.

6 These pharmaceuticals grown in plants, I think,
7 have a lot of potential, and we haven't mentioned them here.
8 We are looking at edible vaccines. We are looking at
9 antibodies to fight against measles or the bacteria that
10 causes tooth decay. This has enormous potential for good,
11 but for that potential to be realized, I think we are going
12 to have to see an industry that accepts some of the
13 regulatory strictures that have been talked about by Greg
14 and others.

15 MR. CHARLES: We can have our discussion, get a
16 little more free form here at this point. Feel free to
17 interrupt and contradict each other, but I do want to come
18 back to you, Michael Phillips, on sort of a detailed
19 question, really, this question of how to contain genes from
20 pharmaceutical production in corn.

21 I wanted to clarify your policy on, for instance,
22 growing corn plants with pharmaceutical-producing genes in

1 them in corn-producing regions. Would any of your members
2 apply for a permit, for instance, to do that kind of
3 production on an open field in the Corn Belt anymore?

4 DR. PHILLIPS: Well, with regards to geographic
5 areas in which these crops would be growing, corn -- we are
6 talking about foreign here, but before I answer that
7 question completely, we have many other plants that are
8 being used besides corn, and I think everyone just could put
9 all of this into perspective in terms of this being used in
10 crops such as rice, crops such as safflower, alfalfa, a
11 whole host of different types of plants and crops.

12 Corn is one of those. Corn is one that many
13 universities and companies do focus on because, as it is
14 sort of the miracle crop for food, it turns out from a
15 scientific perspective to be the miracle crop for
16 pharmaceutical production, as well as in many industrials.
17 It is a very, very unique plant that we certainly are very
18 blessed to have in terms of being able to do this type of
19 research.

20 However, when we are talking about the many uses
21 that a plant like corn can be used for, we have to be very
22 careful about how we do put production systems together.

1 There is no comparison at all between the way in which we go
2 out and farmers go out and raise a commodity corn product
3 that is used for food or feed and the way in which companies
4 and universities go through the process -- right now where
5 we are in field testing -- in terms of the types of systems
6 that are used. We use a very closed system within -- when
7 we are using that crop for a pharmaceutical product, and by
8 that, we mean it is a closed system in terms of the way the
9 stewardship is handled as well as the way in which the
10 Government handles it because, as we have said before, this
11 is a regulated industry. You have to meet the conditions of
12 the permit for you to be able to continue in this business,
13 and if you don't, there are severe penalties that are
14 placed.

15 With regards to where crops like corn are grown,
16 we are looking at all types of alternative ways in which you
17 can ensure the safety of whether if this protein would ever
18 potentially escape to be found in the food or feed supply,
19 and there are many avenues upon which companies and
20 universities are exploring, not the least of which is from a
21 technology standpoint, how you basically raise a pollen-free
22 crop.

1 We are not there in terms of the technology, but
2 that is what companies and university research is working
3 on. So it makes many of these types of issues very moot
4 when you basically have the situation where no pollen is
5 traveling at all, but until we get there, we have to look at
6 alternative ways of which to ensure that we are meeting this
7 zero tolerance.

8 One of those is that of spacial isolation, to get
9 into your question, in terms that you have to put the
10 distance between where these crops are grown for commodity
11 purposes versus where they are grown for a pharmaceutical or
12 industrial purpose, and that is a commitment that our
13 companies have made is that that is a very serious
14 alternative that they look at to ensure that they are
15 meeting the conditions of their permit.

16 And by the way, that has worked out in conjunction
17 with the Government. Companies or universities aren't free
18 to decide where they are going to grow these crops and the
19 Government just hands over a permit. That isn't the way it
20 works at all. You have to convince the Government
21 regulators that from a scientific point of view, you have
22 met all the conditions that will ensure that you will have a

1 zero tolerance. So that means that for companies and
2 universities, they have to think long and hard about where
3 they will be growing these crops so that they can convince
4 the regulators that there is enough spacial isolation that
5 you can meet a zero tolerance.

6 MR. CHARLES: I do have one specific follow-up,
7 though. BIO at one point, as I understood it, said our
8 members won't grow, as the practical example here, corn in
9 the Corn Belt. Is that true? Your members won't grow
10 pharmaceutical-producing corn in the Corn Belt?

11 DR. PHILLIPS: Our members will not grow corn that
12 is in proximity to where a commodity corn is being grown.
13 You have picked out something like the geographic area of
14 the Midwest. That is one where it becomes much more
15 difficult for a company to get the isolation that is needed
16 to basically ensure that there would be a zero tolerance.

17 If in the Midwest you can find that configuration
18 of spacial isolation where you can meet, then, the
19 conditions of what the permit will allow, then you can
20 certainly be there, but if you cannot, then you have to be
21 looking elsewhere.

22 MR. CHARLES: I would actually like to go back to

1 you, Rhona Applebaum.

2 The requirements of the permitting process, if
3 satisfied, does that satisfy you?

4 DR. APPLEBAUM: Me personally?

5 MR. CHARLES: Your organization.

6 DR. APPLEBAUM: The organization. Well, one of
7 the things, we still have doubts associated with not only
8 the current requirements, but what is going to be necessary
9 when this technology is commercialized.

10 With that said, one of the things that we have
11 done is we put together a task force to get the stakeholders
12 around the table to identify and discuss what are the
13 necessary procedures, what are the preventative practices
14 that are needed in order to meet our hurdle -- we have
15 raised the standard, the standard is 100-percent prevention
16 -- and to determine what is going to be necessary, all the
17 way from propagation to disposal and everything in between
18 because, at any point in time when we are looking at this,
19 there is the potential for contamination, and we need to
20 make sure that there are the necessary interventions, the
21 necessary preventive procedures in place to ensure that
22 these compounds that are unapproved for either human or

1 animal use -- when I say animal use, we are talking about
2 the feed animals' consumption -- from getting out. That is
3 our number-one concern, and we have to see whether or not
4 that mousetrap, as we are calling it, exists.

5 If it is thrown on the table and we are going to
6 all be asked to look at it and to try punch holes in it --
7 because when we are looking at a confinement or a
8 containment system, that system is only as strong as its
9 weakest link.

10 A few links have been identified recently as being
11 weak. They have obviously been strengthened and secured,
12 but we want to make sure that there is no weak link in any
13 chain associated with this particular system, and that is
14 what we are looking at.

15 MR. CHARLES: I guess just to follow up --

16 DR. APPLEBAUM: No, please.

17 MR. CHARLES: Michael Phillips' answer implied
18 that the mousetrap exists already. The current permitting
19 process ensures control at 100-percent level. Do you
20 believe that that exists already, or are you looking for
21 further assurance?

22 DR. APPLEBAUM: We are looking -- the food

1 industry is a very trusting sector of the economy, but, in
2 this case, we are going to trust, but verify. We want it
3 verified that there is something in place right now or there
4 will be things in place when this technology is
5 commercialized to ensure with 100-percent certainty that
6 there will be no cross-contamination of these compounds,
7 again, that are unapproved for human consumption from
8 getting into the food supply.

9 MR. CHARLES: Greg Jaffe?

10 MR. JAFFE: I think that in some ways, when I hear
11 the two different speakers and the distinction is sort of a
12 difference between theory and practice -- and Mike is right
13 that a lot of these do have permits and a lot of them have
14 different standard operating procedures in place, physical
15 containment, biological containment, segregation procedures,
16 and the question really is are those in practice carried out
17 and how well are they carried out, humans are fallible and
18 mistakes eventually will happen, and are there safeguards in
19 place and is there oversight to ensure that if those
20 mistakes happen they are caught quickly and corrected before
21 there is a problem.

22 I know that USDA and the biotechnology industry

1 has sort of touted the ProdiGene situation as example of the
2 system working, and I am not sure the system really worked.
3 I think the system got very lucky. If the system had
4 worked, they would have caught the problem with the soybeans
5 on the farm and had to throw out 500 bushels of soybeans.
6 Instead, they got to the grain elevator, which is sort of
7 the last possible stage before it starts getting into the
8 food supply and, in fact, had to destroy 500,000 bushels of
9 soybeans instead. So I don't look at that as a success
10 story. I look at that as luck that we caught it in time.

11 And I guess what I think really needs to be done
12 here is if you do have permits -- and I think we have good
13 scientists and good technical people who can put in place
14 lots of containment, be it physical containment or
15 biological containment, what I think is missing is this sort
16 of oversight and inspection and education and certification
17 and the procedures that need to be done to ensure that those
18 steps are met along the way.

19 The USDA can't be out there inspecting on a daily
20 basis these -- each one of these field tests. There are
21 hundreds of them that have occurred so far, and I think we
22 have to look harder at ways to ensure -- through auditing,

1 independent auditing, documentation and other things to
2 ensure that not only the permits themselves as written will
3 ensure containment, but that in practice they also ensure
4 containment.

5 MR. CHARLES: Is anybody advocating no use of food
6 crops, period, for -- as drug factories basically, or are we
7 talking about mousetraps and containment?

8 Allison Snow.

9 DR. SNOW: I am just surprised to hear Mike say
10 that corn is a miracle crop for pharmaceuticals because I
11 think any food crop has problems that we have already
12 identified here just now and that it is very impractical to
13 be able to get this 100-percent containment. So we ought to
14 steer away from food crops and look at these other ones that
15 you mentioned, like tobacco or safflower or -- I don't know
16 -- other --

17 MR. CHARLES: Safflower is a food. It is a food
18 product. Once you move away from tobacco, Allison, what
19 crop do you go to that is not a food crop?

20 DR. SNOW: Petunias, kanaffe [ph]. I don't know.
21 I am not in that field.

22 But I am just saying that if there is one fatal

1 flaw, it doesn't make it an ideal species anymore to be
2 working with, and I think the flaw with corn is that it is a
3 widely disbursed food and a commodity and it out-crosses.
4 It has multiple flaws. It is probably, from a gene-flow
5 perspective only -- it is probably the worst species that
6 could be used, and yet, companies like ProdiGene are
7 investing -- they are only testing corn. I don't understand
8 the lack of interest in other species when there are these
9 serious flaws.

10 MR. PHILLIPS: There are good scientific reasons
11 why corn is used, and we could have a whole forum just on
12 that, but to say that because there are some risks, we
13 should just move away from it entirely, you know, our
14 industry could not disagree more.

15 There are ways, and we have got it in the existing
16 system that we have today. We are going to enhance this
17 system. We are going to support many of the things that
18 Greg just talked about. Absolutely, we are going to be
19 supporting things such as self-audits, such as mandatory
20 inspections by third parties, such as training, such as --
21 of all the workers that are going to be in this field,
22 confinement systems which we have already published a paper

1 on, mitigation plans, transportation plans, the whole host
2 here that Rhona has been alluding to. We are in complete
3 support of all that.

4 You can put systems together, and besides that,
5 there is evolving technology out there that it needs time
6 yet, but it is clearly going to pave the way for many of the
7 things that we consider to be risks today. It is going to
8 eliminate, if not -- mitigate, if not eliminate many of
9 those risks.

10 MR. CHARLES: Actually, at the risk of getting
11 slightly biological and technical here, I am curious about
12 -- again, to Allison Snow -- some companies are using wheat,
13 for instance, or self-pollinated crops where essentially the
14 flower is self-contained, the pollination happens within the
15 plant, very little out-crossing, as you say. Does that
16 solve the problem, or are there still problems?

17 DR. SNOW: I think it is preferable, but it
18 doesn't solve the problem because the seeds are moving
19 around, even if the pollen isn't moving around. People are
20 trading seeds, and they are being exported and they are
21 alive. So the genes are moving in the seeds.

22 So I think it is still a problem with any type of

1 food crop that your industry is going to be very concerned
2 about.

3 MR. CHARLES: Okay. Further follow-up questions
4 here. What about the issues of environmental risks that
5 have been much in the air with genetically engineered crops
6 generally, out-crossing to weeds in this case as opposed to
7 crossing within the crop itself? Is there anything peculiar
8 about pharmaceutical production in crops that raises
9 particular environmental concerns?

10 DR. SNOW: Are you looking at me?

11 MR. CHARLES: Yes, I am looking at you again.

12 DR. SNOW: Okay. This is a bit outside my area.

13 MR. CHARLES: Oh, sorry.

14 DR. SNOW: But it would depend on the
15 pharmaceuticals, if there was any effect on livestock or
16 wildlife. You are thinking of other than the health
17 concerns that we have mentioned.

18 MR. CHARLES: Other than health concerns, yes.

19 DR. SNOW: So it depends on the scale that they
20 are grown at. They probably wouldn't be grown in a large
21 scale.

22 MR. CHARLES: Let's say an anti-diarrhea compound

1 gets into wild relatives of sunflower. Does anyone have any
2 idea?

3 DR. SNOW: I don't know whether other people want
4 to talk about that, but I really think there could be some
5 environmental effects, but it is so speculative right now
6 and you need to know what is the crop, what is the trait,
7 what scale will the exposure levels be before we start
8 thinking about -- I mean, it is good to consider that.

9 MR. CHARLES: Yes.

10 MR. JAFFE: If I could answer your question, Dan.
11 I can't answer the question about the anti-diarrhea crop in
12 particular, but I think the NAS had a panel that came out
13 with a report on transgenic plants back in February of 2002,
14 and they specifically raised that issue that there are
15 environmental risks associated with these pharma
16 applications such as genetic engineering and that they
17 aren't really being looked at, that there really needs to be
18 thorough environmental assessments.

19 And I think one of the things that hasn't been
20 looked at very closely on these -- and maybe it is because
21 they are small field trials, but there still are non-target
22 effects. Birds still do eat corn, and you have deer getting

1 into fields and other kinds of animals. And I think there
2 haven't been looked at -- the USDA doesn't do environmental
3 assessments on a regular basis when they issue these
4 permits.

5 So I think that you do need a more rigorous system
6 in place. I think until you have that in place, I think you
7 should consider not using food crops because I think you
8 will have problems until you can have food safety
9 assessments and environment assessments of these. I think
10 we should be using things like tobacco instead. I think we
11 should put in place in the system incentives so that
12 non-food crops are chosen to be used by these companies.

13 MR. CHARLES: And, Julia Moore, you had something
14 else you wanted to say, but I wanted to ask you how has this
15 episode, this recent episode, been covered abroad because
16 this is something apparently you have looked at.

17 MS. MOORE: The ProdiGene incident has been more
18 covered in Europe than it has been in the United States.

19 In Europe, consumer groups and environmental
20 groups have said, "See? This is not a perfectly regulatory
21 system because, guess what, people are imperfect," as Greg
22 said, and you are always going to have these problems unless

1 you have a more restrictive system that is the mousetrap
2 that you can punch these holes in and not penetrate.

3 I think we have talked a lot about science, and I
4 think in terms of biotechnology, this has been an unusual
5 discussion because we have tried to focus in on the
6 realities of the existing regulatory structure and the
7 science, but there is a lot of politics in this.

8 One of the reasons that corn, which has pros and
9 cons for use in pharmaceutical plants, is being discussed is
10 because there is this expectation in the Middle West which
11 is where I come from that this is the gold mine.

12 Iowa is the next Silicon Valley, and they are
13 going to be rolling in green, green money, which is plants
14 that produce these wonderful miracle drugs.

15 I contend that the jury is still out on whether
16 corn is the ideal crop, but, certainly, if it is and if you
17 are going to address the concerns of the food industry, you
18 are not going to be able to grow this corn in America's
19 bread basket.

20 MR. CHARLES: Yes, Michael.

21 DR. PHILLIPS: If I could. I think we are getting
22 a couple of things here mixed up, and I think we need to

1 keep them separate.

2 We are dealing with the ProdiGene case as not an
3 issue with regards to what the regulatory structure is.
4 What we are dealing with there is a company that did not
5 follow the rules.

6 Now, you can have the most stringent regulatory
7 system that man has ever invented. If a company does not
8 follow the rules, you are still going to be in the same
9 problem, and that is why -- and we applaud the USDA and the
10 way in which they have handled this situation where you send
11 a loud signal, i.e., through penalties and through fines,
12 that this will not be tolerated, and if it means a company
13 goes out of business, then so be it. That is the way that
14 this is going to have to work.

15 So I think we need to separate the two because, if
16 you are going to have institutions that are not going to
17 comply with the rules, i.e., they are breaking the law --
18 and when you break the law, you pay a huge penalty. So I
19 think we need to focus on -- when we are focusing on this to
20 keep these issues separate.

21 We are as an industry extremely supportive of the
22 Federal agencies in putting out the most stringent

1 regulations that we can, so that this area can move ahead.
2 There are too many benefits, as Julia has I think very well
3 laid out, for us not to move ahead because we have huge
4 issues in the medical arena that this alternative source of
5 developing the proteins for therapeutic compounds that can
6 save lives and that people need, that the -- it is just so
7 commanding that you must find a way to make something like
8 this work.

9 And I think that we are definitely working with
10 the Federal agencies, exactly on the right path here. We
11 are going to continue to work with the agencies in terms of
12 supporting them and making the regulations as tight as
13 possible so that we can ensure that we do have zero
14 containment.

15 MR. CHARLES: Greg Jaffe, in the ProdiGene case,
16 was the fine huge? Was that an adequate deterrent, do you
17 think?

18 MR. JAFFE: I mean, I think that from USDA's
19 perspective and given the kinds of fines they give, it was a
20 very large fine, \$250,000, and the payment to recoup for the
21 destruction of the soybeans, I think is a significant
22 deterrent. How that will affect ProdiGene's bottom line, I

1 am not sure.

2 I don't know exactly what were their compliance
3 problems, how they got to the stage they were, and so it is
4 hard to comment about whether this is just a
5 company-specific thing or whether it is endemic of the
6 industry, although we did have a Starlink issue before we
7 had Pioneer and Dow violations in Hawaii. We have had a
8 number of other incidents with the industry not complying
9 with permit or registration conditions that at least begins
10 to make somebody think that if the agencies looked harder --
11 and again, it is unclear how hard USDA or EPA has really
12 looked -- if they looked harder at all the permits that are
13 out there, then we might find significantly more violations.

14 So I think there really needs to be a lot more
15 oversight and inspections to ensure that they are. In the
16 ProdiGene case, they put in, in that settlement, a fair
17 amount of injunctive relief in terms of education
18 certification, documentation, auditing, all kinds of things
19 in place specific to Prodigene, mandatory permits.

20 It is unclear for me whether those are just going
21 to become standard practice, but I think at a minimum, they
22 need to become standard practice for every pharmaceutical

1 and industrial application that is submitted, and right now,
2 USDA has not come out and said that.

3 MR. CHARLES: One thing, before we go to questions
4 from the audience -- and we are getting there soon -- I
5 wanted to get your response, Mike Phillips, to one proposal
6 that was made from the panelists that any time you actually
7 were doing a pharmaceutical production in a food crop, that
8 you at least get approval for that as safe, at least in
9 trace amounts in food. In other words, you would have to go
10 through a food safety process before you even did this in a
11 food crop, even if it wasn't intended for consumption. Is
12 that something you would agree with?

13 DR. PHILLIPS: Where that is possible, absolutely.

14 MR. CHARLES: Where it is possible.

15 DR. PHILLIPS: Where it is possible, but, I mean,
16 you will be dealing with some proteins upon which they make
17 excellent therapeutic proteins, but you could not possibly
18 get a food or feed approval. So you end up constraining
19 yourself unnecessarily at times.

20 But where it is possible, by all means. I think
21 we do have to look at that very seriously.

22 This is an issue that I think FDA is going to have

1 to give a lot of serious thought to because if, as you read
2 the law, this is -- they give approvals based upon intent,
3 and lawyers know this much better than I do, but you have to
4 be very careful about the way in which you are asking
5 because, if it is not intended for the food supply, then it
6 puts FDA in a bit of a box, how then you can approve it to
7 be. So it ends up being a circular argument, to some
8 degree, but I think those are things that we can all work
9 on.

10 I think those are things that -- we do know that
11 there are some compounds out there, like trips in that does
12 have GRAS status when it is intended for the food supply.

13 MR. CHARLES: GRAS for those in the audience who
14 don't know it?

15 DR. PHILLIPS: GRAS is generally recognized as
16 safe by FDA, and the question there is can that transfer
17 over to when it is used in a non-food way, that it could
18 still have that type of status, and I think that is an open
19 question that has to be addressed by the agencies and the
20 industry.

21 MR. CHARLES: We can have one more question to the
22 panel before we go to questions from the audience, and this

1 is to you, Rhona Applebaum.

2 This morning, I went and looked through this
3 document that was put together. It is a document from the
4 USDA and FDA on exactly the topic that we are talking about
5 today, and particularly in the section that dealt with
6 containment in the field of genes and gene products, there
7 was a lot of language like "companies should consider the
8 use of crops that are not food crops" or they should think
9 of this. It seemed very vague and mushy to me. Is that how
10 you see it? Is that enough, or do they need to be much more
11 specific?

12 DR. APPLEBAUM: Your first question, yes, it is
13 mushy, and that is one of our major concerns as it relates
14 to the guidance. It is "you should consider," "look at
15 this." There is a big difference between "looking at this"
16 and "you shall do," and that is one of our concerns, but I
17 think listening to my colleagues on the panel -- I think we
18 are all in agreement that once the system is identified that
19 truly has been proven to contain and confine with
20 100-percent certainty, there must be regulatory oversight
21 and regulatory requirements put into place to make sure that
22 that is the system that is being used to achieve that

1 particular standard that we are looking at. So I think
2 there is an agreement amongst the panelists as it relates to
3 that particular issue.

4 MR. CHARLES: Okay. So I would now like to open
5 it up to questions from the floor, and let me explain a
6 little bit how we will run this.

7 Let me also remind viewers on C-SPAN of the e-mail
8 address to which you can send your questions, and that is
9 bio@cspinet.org. That is the e-mail address to which you
10 can send questions.

11 If you have a question, feel free to wander over
12 to this microphone. Raise your hands first. I will
13 recognize you, and then you can go ask your question at the
14 microphone. I also will mix in some questions from these
15 cards.

16 Please do identify yourself and your organization
17 if you are from an organization so that both we and the
18 audience on C-SPAN knows who you are.

19 So are there any questions immediately?

20 MR. CLAP: Yes. I am Steve Clap [ph] with Food
21 Chemical News.

22 Greg mentioned the Durbin bill which would require

1 these food safety assessments and environmental assessments.
2 This is an area of legislation that the food industry has
3 been opposed to in the past saying basically it is
4 unnecessary.

5 Rhona, does the ProdiGene affair cause you to
6 change your mind at all about that?

7 DR. APPLEBAUM: No. The issue is we need to make
8 sure that the necessary regulations, regardless of what laws
9 there are on the books, if you don't have the appropriate
10 implementing regulations in place, there is nothing for the
11 companies to abide by.

12 We feel very strongly that this particular issue
13 with the stakeholders in agreement as we are can be done at
14 the USDA level, the FDA level, as well as the EPA level as
15 it relates to this particular issue of PMPs.

16 MR. CHARLES: Adequately answered?

17 What was that last thing?

18 DR. APPLEBAUM: Oh, I'm sorry. The plant-made
19 pharmaceuticals. I'm sorry. The issue we are discussing at
20 this point in time.

21 MR. CHARLES: Okay.

22 MR. : It is great to have a response to

1 that.

2 [Laughter.]

3 MR. CHARLES: The question from Food Chemical News
4 is does Greg have a response.

5 MR. JAFFE: I mean, I think that the problem --
6 and I am surprised that the food industry had that position,
7 especially it sounds like Mike in his answer before to your
8 questions says the bio industry is at least willing to look
9 at a food safety assessment for these crops. Is that the --
10 FDA system now is really voluntary, whether it is for --
11 intended for food or not intended for food. It is
12 voluntary, and clearly, as Mike said -- and he was correct,
13 even though he wasn't a lawyer -- that the FDA's mandate
14 only is for things that are intended for food. So, if you
15 grow it in a food crop and it is not intended for food, it
16 doesn't fall under FDA's authority until it gets in the
17 food, until it gets into one of Rhona's client's food, and
18 then it becomes adulterated. So there is a gap there where
19 FDA doesn't have oversight until it is too late, until it is
20 already adulterated, until we have got to recall it, until
21 we have to worry that humans have eaten it and it may be
22 dangerous.

1 I think what the Durbin bill does -- and I think
2 it does it in a realistic sort of rational way -- is say FDA
3 takes a look at these crops for things that are intended for
4 food. It will do a close look because, in that case, humans
5 will be exposed to it in fairly high doses potentially, and
6 for things that aren't intended for food, it can look at it
7 in a much more cursory way, but it can ensure that if it
8 does get into food, it is not an allergen or a toxin or
9 doesn't -- won't cause any problem, again, that doesn't --
10 does not still -- does not mean that we still shouldn't try
11 to contain it and prevent it from getting in the food, but
12 when it does get in, you know, the consumer doesn't have to
13 worry that he has eaten something that is dangerous for him.

14 DR. APPLEBAUM: I would just like to respond to
15 that point because we have a concern with that, and the
16 concern is regardless of whether this compound that is
17 unintended for human or animals gets into the food supply,
18 regardless of the fact that it might have gone through a
19 food safety approval process -- and I question that very --
20 you know, to a great deal -- we have a concern because it
21 has gotten out. That is our concern, and we want to make
22 sure that if the use of food and feed crops, as Dan put it,

1 as factories for the production of pharmaceuticals and
2 industrial chemicals, if the system in place cannot confine
3 those crops to the point where it doesn't get into the human
4 or animal feed supply, then you should not be using food and
5 feed crops for this purpose.

6 I don't care whether there is a safety issue
7 involved or a non-safety issue involved, Greg, because the
8 way you are doing it, you are developing a bifurcated
9 system. If it is a safety approval process, yeah, you can
10 use corn. If it is not approved from a safety perspective
11 for corn, then you put it into tobacco. That is not
12 acceptable to the food industry, unacceptable.

13 Perception is reality on the part of the consumer,
14 and to have these compounds getting into the food supply
15 that are not intended for them to be consumed, we have a
16 problem with, and that is where we are beginning to differ
17 in regards to the use of food and feed crops. The bottom
18 line is yes, use of food and feed crops for this technology
19 is appropriate if the necessary preventive procedures are in
20 place.

21 In the absence of those preventive procedures as
22 well as the regulatory requirements to support them and, if

1 need be, in terms of other factors involved, you don't use
2 them. You find something else. You find another vehicle.
3 You find another factory, but you don't use food and feed
4 crops.

5 MR. CHARLES: Greg is asking for the last word
6 here.

7 MR. JAFFE: Just one little follow-up on that. I
8 guess that is what it sounds like is then you don't use it
9 in food or feed crops because I think that humans are
10 fallible and that you are going to have -- I mean, you can
11 set up the best containment system. You can set up the best
12 inspection system. You can set up the best oversight
13 system. But how do you prevent the fact that, you know,
14 some farmer or the person who is growing this has a son or
15 daughter who is 8 years old that goes and mixes the bag of
16 seeds by accident or something? I mean, accidents --

17 DR. APPLEBAUM: Because --

18 MR. JAFFE: -- do happen.

19 DR. APPLEBAUM: Absolutely, and we also have to be
20 aware of the environmentalists who hate this technology, who
21 could use intentional sabotage to bring agricultural
22 biotechnology to the ground, and that is one of our major

1 concerns, but we have to make sure that, you know, we work
2 to identify the best system, if the system exists. If it
3 doesn't exist, again, guess what, you don't use food and
4 feed crops, but if it exists, you have to make sure all the
5 mandatory requirements, the stringent requirements are in
6 place, including, but not limited to licensing farmers and
7 everyone from propagation to disposal to make sure they know
8 what they are doing.

9 MR. CHARLES: Does anyone want to feel themselves
10 called upon as an environmentalist to Julia?

11 MS. MOORE: Environmentalists do not hate this
12 technology. In fact, one of the pieces on my biography that
13 Dan didn't talk about was my stint as executive director for
14 Physicians for Social Responsibility.

15 I first became interested in this issue because I
16 wanted to reduce the levels of pesticides in the diets of
17 infants and children, and at that time, I saw biotechnology
18 and the industry saw biotechnology as a means of reducing
19 exposures to pesticide.

20 Like any technology, this technology can be used
21 for good purposes, a healthy environment, to improve human
22 health, that are good for medicines, or they can be used for

1 bad purposes, and I think what the environmental community
2 and basically what all consumers are saying is let's make
3 sure we get this one right.

4 MR. CHARLES: We had one question from the
5 Internet specifically -- well, to you, but you have answered
6 it, but also to Mike, whether you agree with this Durbin
7 bill requirement, I guess specifically on FDA approval of
8 the engineered -- this question may assume some facts that
9 are not quite right, but FDA approval of the pharmaceutical
10 production in a food crop.

11 DR. PHILLIPS: I think it is as Rhona said. The
12 statutory legislation laws that we have today is very
13 adequate to address this whole area, and we see no reason
14 why we need any kind of new legislation whatsoever.

15 There is ample room within the statutory authority
16 for FDA, USDA in this area to promulgate all the regulations
17 that they need to assure the safety of the food and feed
18 supply.

19 MR. CHARLES: Question from the floor. Please
20 identify yourself.

21 MR. METTS: Matthew Metts [ph], fellow from the
22 American Association for the Advancement of Science.

1 Sorry. This isn't a question, but I wanted to
2 inject something that seemed to be missing from the
3 discussion up until this point, and it comes down to
4 intellectual property and infrastructure as being some
5 primary reasons why you see food crops such as corn being
6 used currently.

7 The industries that use these technologies have a
8 great deal of licensing issues and a great deal of expertise
9 and personnel invested in using particular crops, corn being
10 one of them, and until there is a realization that the
11 expense in terms of liability and public relations is so
12 great that they need to invest in using other crops and
13 will, unfortunately, see things like corn continue to be
14 used.

15 MR. CHARLES: Any response from the panel?

16 MR. PHILLIPS: Well, I would just say that there is
17 more than corn that is being used here. I think we are
18 focusing a lot on corn, and for the reasons that the
19 moderator has listed, but we have companies as well as
20 universities that are working in all different kinds of
21 plants. So I would hope that everyone would just take away
22 from here that this is not just corn. There are many other

1 crops that are being used that I indicated earlier from
2 alfalfa to rice to tobacco to safflower, a whole host of
3 different plants that are being used. So the focus is not
4 just on corn that companies are concentrated on.

5 MR. CHARLES: Question?

6 MS. THROW: I should thank the previous questioner
7 because it ties in exactly with what I wanted to mention,
8 and it is also related to what Michael Phillips just
9 discussed for us.

10 One of the themes in our discussion here today is
11 what public goods are we looking at.

12 MR. CHARLES: Could you identify yourself?

13 MS. THROW: Oh, I'm sorry. Anne Marie Throw [ph]
14 from USDA, CSREES, Cooperative State Research Extension and
15 Education Service.

16 We are looking at public goods. We know that
17 investment opportunities are a public good. Any of us that
18 have retirement funds know that. New sources of
19 pharmaceuticals, as Julia Moore mentioned, new drugs of
20 public good, public safety, consumer confidence is an
21 important public good.

22 A fourth one, when you are looking from a national

1 perspective, you are looking at the entire map of the U.S.
2 and your job is to try to think of what are some sustainable
3 income streams for other rural areas. Here is an
4 opportunity to perhaps put some of these new marketable
5 products in crops that do grow well in some of these other
6 areas, like you are on the Eastern Seaboard. Tobacco would
7 be an example, sugar beets, maybe even [inaudible],
8 something like that.

9 So my question particularly for BIO, but for
10 anyone, would be: To what extent would that have to be a
11 public sector investment? To what extent and under what
12 conditions would joint ventures with the private sector be
13 feasible, be practical, so that we don't miss that
14 opportunity from this technology to develop income streams
15 for other parts of the rural United States?

16 [Side B of audiotape begins.]

17 MR. PHILLIPS: The answer is yes in terms of any
18 kind of public/private partnership. In fact, a number of
19 our companies already are in those types of partnerships of
20 various forms, not only here in the U.S., but in Canada as
21 well, and what we are certainly encouraging is more of that.

22 I think both the private as well as the public

1 sector could do an even better job than we have to date of
2 looking where those opportunities are and where there are
3 avenues upon which we can collaborate and work together on.

4 MR. CHARLES: Any other response to that?

5 [No response.]

6 MR. CHARLES: Let me shuffle in a question on a
7 card here. It says the message so far today is confused.
8 Do we have and will we have a zero tolerance and, therefore,
9 safe food? Let's get a clear message to the public based on
10 science.

11 The question, I guess, assumes that zero tolerance
12 equals safe food, and is that your position?

13 MS. APPLEBAUM: The issue is not one of safety at
14 this point in time.

15 What we are looking at and what we live under in
16 terms of the current laws that the food -- the processed
17 food industry, the food industry in general lives under is
18 zero tolerance. No level, regardless how small, can be in
19 food if it is an unapproved substance. That is what we are
20 living under.

21 So it is not an issue of safety. Even if you have
22 a safe compound that isn't approved for human food, the

1 product is adulterated. That is why our number-one concern
2 continues to be and will remain safe, wholesome, and
3 unadulterated food, and that is where the concern is.

4 So the issue is not necessarily, Dan, one of
5 safety because we have situations where there are unapproved
6 substances found in food that are safe, but we still have an
7 adulterated product and it has to be removed from the food
8 chain and the food supply. The risk is too high because the
9 food industry is left holding the bag, the risk bag, and we
10 are the final step to the consumer.

11 And we do appreciate -- absolutely, we appreciate
12 the benefits that this technology can bring, whether it is
13 for -- you know, in the therapeutic area, whether it is for
14 the farm sector, whether it is for new jobs. Absolutely, we
15 appreciate that. We also appreciate the challenges that are
16 not only presenting themselves to the particular areas of
17 the country who want to have this type of technology, but we
18 also can't forget in terms of what we have to deal with as
19 it relates to ensuring that our products and the products
20 that we sell our consumers are, again, safe, wholesome, and,
21 in this case, unadulterated.

22 MR. CHARLES: We are getting quite a line over

1 here. Let's move on.

2 MR. : [Inaudible.]

3 MR. CHARLES: Oh, we do. Well, that will confuse
4 things. Are there people waiting over there, too?

5 MR. : Just one.

6 MR. CHARLES: Well, you have been waiting. So why
7 don't you go ahead.

8 MR. WHITE: Hi. My name is Jim White. I am at
9 USDA APHIS Biotechnology Regulatory Services, and I have
10 four comments to make.

11 First of all, about field testing, the ProdiGene
12 incidents were discovered by APHIS and State inspectors who
13 were inspecting these facilities. I want to remind
14 everybody that is listening that before any field test
15 occurs or any importation to a contained facility like a
16 research lab or a university, the State has to concur with
17 that.

18 The inspectors -- the State inspector and I will
19 also -- was there when the ProdiGene incident in Iowa was
20 detected. We talked a lot about other crops, and you can
21 read a letter from me dated May 20th of 2002 on our website
22 where APHIS has some concerns about other crops.

1 I would say that a crop like sunflowers would
2 never receive approval. One big issue is the plant cannot
3 out-cross to pre-living sexually compatible species. So
4 that eliminates many plants like sunflower and alfalfa.

5 We are also concerned about seed dormancy. That
6 is where seeds would lie on the ground and won't germinate.
7 For brassica species, this can be for 7 or 8 years. We can
8 see you could have to monitor forever for that kind of
9 thing. Those are two things that corn doesn't have a
10 concern about.

11 One thing that we thought about, about this
12 technology, is that we really need -- and I think Rhona has
13 a very good point. We have to have a system in the United
14 States. We are very concerned about it going to China or
15 someplace overseas that might not have the infrastructure of
16 regulations that we do in the United States, and they could
17 still end up in our food supply. So that is something that
18 I think we have to balance, too, because if the benefits of
19 some of these technologies do get through the FDA regulatory
20 process and be approved as new therapeutics, where are they
21 going to be produced, and where would they be safer produced
22 to protect us since we do import a lot food for foreign

1 countries.

2 We have thought about moving to other crops, but I
3 don't think that addresses very many concerns. I have
4 mentioned pasture [?] beans, for example, because I don't
5 have any one better, but if you grow large acres of pasture
6 beans anywhere in the United States -- and we looked hard --
7 there is always other productions. If you are concerned
8 about seeds going from one place to another place, crop
9 debris, those issues don't go away. So, personally, I don't
10 see the corn seed mixture issues about people planting
11 things or something like that being any different than
12 planting any other plant product. So, I mean, that is all
13 open to debate.

14 We have thought about those things. There is no
15 perfect system. There is no perfect plant, and humans are
16 fallible.

17 MR. CHARLES: Any responses from the panel
18 directly? We have lots more questions.

19 Go ahead.

20 MR. MENDELSON: Thank you. My name is Joseph
21 Mendelson [ph]. I am with the non-profit group, the Center
22 for Food Safety.

1 It is part response and part question. With all
2 due respect to Ms. Moore, I don't think the environmental
3 community -- it is not a question of love or hate. I think
4 it is a question of reasonable skepticism that the actual
5 environmental review has taken place for this technology. I
6 think this is a very good case in point that we are talking
7 about. We are talking about issues after the fact here,
8 issues about containment, about spread of the seeds, about
9 what might the impact be on wildlife.

10 The USDA, with due respect to Jim, has never done
11 a full environmental impact statement on this particular
12 sector of genetically engineered crops. It would seem that
13 the system should take -- that that review should take place
14 before any planting were taking place, before we are dealing
15 with these issues as a way to find out how we can contain
16 this, whether we can contain it, whether we can
17 geographically contain it, whether it is food crops or not,
18 and I guess the question part is yesterday our organization
19 and a coalition of environmental groups filed a legal
20 petition asking the USDA to institute a couple of things, a
21 moratorium on any outdoor planting or the use of food crop
22 planting for these types of genetically engineered crops,

1 that that moratorium be in place indefinitely until a strict
2 regulatory system is actually in place.

3 With all due respect to Mr. Phillips, we are
4 talking guidance here. We are not talking regulation. I
5 think Ms. Applebaum pointed out a lot of the mushiness in
6 that system.

7 And I think the other issue is conducting a
8 programmatic environmental impact statement for these crops,
9 to look at all these issues, and finally put some public --
10 robust public discussion fostered by our Government to
11 discuss this matter.

12 The last issue is to revamp confidential business
13 information in FOIA requests. When it comes to the
14 ProdiGene example, we are still not quite sure what type of
15 material even got into the food supply. There had been
16 varying press accounts, and we would like to see that
17 reform.

18 My question, then, is directed to Ms. Applebaum.
19 If these type of things would be supported by the National
20 Food Processors Association and some of its members, I would
21 be interested in your response to that.

22 DR. APPLEBAUM: Your point regarding the

1 moratorium on outdoor planting of these food crops until the
2 regulatory systems are in place, we have concerns even
3 during the testing phase, not so much with the regulatory
4 system in and of itself, but the fact -- the regulatory
5 system can only regulate the mousetrap. And our concern at
6 this point in time is we haven't seen the mousetrap.

7 Stakeholders have said it is there. The farming
8 community, various farmers within the farming community,
9 have said they had it. Mike has said his folks have had it.
10 His folks have come to his companies in terms of we have a
11 system.

12 What we want to do is we want to take place --
13 because it is not just a system, you know, in isolation. It
14 has to be a continuum. It has to be, again, from
15 propagation to disposal. We want to make sure that there
16 is, indeed, a system in place, and, of course, that system
17 must be regulated.

18 MR. CHARLES: The question was they are calling
19 for, if I understand it, a moratorium on all open field
20 planing.

21 MR. MENDELSON: All open field planting and on the
22 use of food crops in general. So, in other words --

1 MR. CHARLES: Starting now.

2 MR. MENDELSON: -- you couldn't do indoor crop
3 food -- indoor plant food crops.

4 MR. CHARLES: Right. So is that a reasonable
5 [inaudible]?

6 MS. APPLEBAUM: Our -- and you have a copy of our
7 position statement. Our position statement says avoid the
8 use. It doesn't say whether it is in testing situation. It
9 doesn't say whether it is during commercialization. Avoid
10 the use of food and feed crops unless -- without -- you
11 know, if there is -- you know, minus the established
12 preventive procedures. So that is what our position is, and
13 the fact that even in the testing phase, there is the
14 potential for contamination, we have a concern with, and,
15 again, we talked about what recently happened in Nebraska.
16 All we can say is thank goodness, it was contained. Thank
17 goodness, we had alert regulatory professionals out there to
18 find it and contain it.

19 But what would have happened if they didn't?
20 Again, we are talking about 500,000 bushels of soy. We are
21 talking about very, very small levels of this plant being in
22 there, very, very small levels, extremely small levels, but

1 extremely small levels are still greater than zero and that
2 is what we live under.

3 MR. CHARLES: Any other response?

4 [No response.]

5 MR. CHARLES: Okay. Let's continue.

6 MR. : Hi. I am Michael [inaudible] of
7 the National Academy of Sciences.

8 I was wondering, the panelists are discussing
9 biological containment, and they are referring to biological
10 confinement, but none of you has yet distinguished the
11 conceptual difference between the two because I think there
12 is an important underlying conceptual difference. So, for
13 the sake of the audience and the general listeners, I was
14 wondering if you could just engage me a little further and
15 distinguish between containment versus confinement.

16 MR. CHARLES: Go ahead.

17 MS. SNOW: That is a really good point, and a lot
18 of people think those are the same terms, but when you start
19 looking at these issues, we talk about containment meaning
20 total containment and confinement just meaning reducing as
21 much as possible the amount of gene flow or contamination
22 that might occur.

1 So confinement is actually the only thing that is
2 practical in field tests. You can find the genes. You
3 don't really know how far they are going or how many are
4 escaping, what tiny, tiny fraction is getting out. So,
5 usually, "confinement" should be the proper term because
6 containment is so difficult to achieve, even though we are
7 assuming that it is possible. That is my point of view.

8 MS. MELLON: Well, I guess my question --

9 MR. CHARLES: Identify yourself first.

10 MS. MELLON: Oh, my name is Margaret Mellon [ph].
11 I am with the Union of CONCERNED Scientists.

12 And my question, at least the first one, concerns
13 the mousetrap and who is going to build it. In fact, we are
14 relying on the USDA primarily to build the mousetrap that we
15 are talking about, and I think it is important to realize
16 how weakly that agency has performed as a regulator up until
17 now. It has been under heavy criticism, certainly from the
18 environmental community, for the last 15 years for the
19 weakness, the structural and weakness in practice of its
20 regulatory system.

21 It was the target of a report issued last year by
22 the National Research Council pointing out the deficiencies

1 of the Department's regulatory process, specifically its
2 lack of scientific rigor, its lack of participation. It
3 does -- almost everything it does in secret doesn't seek out
4 the participation of either the scientific community or
5 citizens, the lack of transparency. I mean, you really
6 don't even know now what they have done and the reasons for
7 which they have done it.

8 So, with that as a background, I would like to, I
9 guess -- I would like to ask whether the USDA has even
10 embraced the standard that Ms. Applebaum has articulated of
11 zero contamination of the food supply as the standard
12 against which it is going to measure its own regulatory
13 system.

14 I mean, I have not heard them say yet that is
15 where we are going, we are going to make sure that we will
16 not contaminate our food supply. So that would be -- you
17 know, that would be one of my questions.

18 My other one, which is perhaps more rhetorical, is
19 that -- I mean, I am pleased that they got ProdiGene. How
20 do we know that other companies have not escaped their net?
21 I mean I, for one seeing that net as full of holes, really
22 doubt that they are the only ones that slipped up to the

1 extent that they did. These kinds of crops have been grown
2 for almost 10 years now. So that is my question.

3 Congratulations for ProdiGene, but who else is out
4 there?

5 Then I guess I will ask one more, one more
6 specific question, to Ms. Applebaum, and that is whether
7 your policy -- I think the answer is yes, but I just want to
8 be clear. Your policy of zero contamination embraces not
9 only the crops that have been grown with an intention to
10 produce a pharmaceutical, but also those crops that have
11 been grown to produce other chemicals for industrial uses,
12 for example, plastics.

13 DR. APPLEBAUM: Yes, but can I ask --

14 MR. CHARLES: We had multiple questions there.
15 Did you just want to --

16 DR. APPLEBAUM: Your last question is yes.

17 Now I am going to jump to you first question. We
18 don't expect USDA to develop the mousetrap. With all due
19 respect -- and I love the folks in the regulatory agencies,
20 FDA and USDA, but if we waited for our regulatory brethren
21 to develop the best tools by which we operate, we would be
22 -- I doesn't want to say where we would be. Their job is to

1 regulate, their job is to enforce, and their job is to
2 protect the public's health. You can't expect them to come
3 up with everything in terms of meeting the needs of the
4 industry. It is going to be everyone engaged.

5 For example, the farmers have to identify how they
6 are going to be able to contain -- thank you very much --
7 these compounds that are unapproved for human and animal use
8 or animal consumption in their part, in their sector, and we
9 also allow and we also expect the tech providers to also be
10 engaged in that because who knows better how to do that than
11 the industry that is engaged, whether it is the farming
12 community, whether it is the tech providers. We are going
13 to be at the table, not that we are going to tell them how
14 to do it, but we are telling them what they need to achieve,
15 but, absolutely, the Government agencies need to be involved
16 because they are part of the stakeholder community.

17 MS. : Well, I mean, I just couldn't
18 agree more that those are exactly the stakeholders who
19 should have been invited not next week, but, in fact, 4
20 years ago to the table to help fashion the USDA system which
21 we saw right now.

22 I mean, I don't think that the environmentalists

1 are the only folks who were left out of that process. In
2 fact, I think there were numerous other stakeholders,
3 including the food industry, who weren't there, who should
4 have been there, and who did not really have much of a say
5 about the current system that we are now relying on.

6 MR. CHARLES: I would be curious -- yes. Well,
7 first of all, we could do something interesting here and
8 have a back-and-forth between two microphones. Does anyone
9 from the USDA wish to reply to the charge that you have been
10 weak, lacks, ineffective, and possibly missing lots of other
11 violations apart from ProdiGene? I mean, it is your
12 opportunity. You shouldn't feel required to, but I wanted
13 to give you that opportunity, if you like.

14 MR. WHITE: As Marty well knows, I called Jane
15 Wristler [ph] at Union of Concerned Scientists, invited her
16 to the public meeting in Iowa and pay their way, and Jane
17 declined. That was the public meeting cosponsored by FDA
18 and USDA in draft of the public guidance document that is
19 now currently available for public comment.

20 You can read about the inspections and read the
21 totals and our analysis in the OSTP case study that was
22 published right at the end of the Clinton administration.

1 You can reach that from the APHIS biotech website, and that
2 will summarize the number of compliance infractions to that
3 date. That is the best public data that I have right now,
4 that I can remember right offhand, and that was 60-some from
5 '95 to 2002, give or take a year or two. I don't remember,
6 but that is where you can read the numbers.

7 MS. : Well, those are at least -- I
8 mean, that is at least 2 years old, and it is only one. So
9 those are moving in the right direction, and as I said, the
10 USDA has been moving in the right direction over a number of
11 years. I think they still have a long, long way to go.

12 MR. CHARLES: I think I am going to have to move
13 things along here a bit.

14 A couple of responses from the panel. Greg, and
15 then Julia.

16 MR. JAFFE: Yes. Based on the last comments both
17 by Rhona and Marty and Joe, it seems to me that maybe there
18 is a consensus-building around here that USDA should be
19 having a mandatory permitting system for these crops before
20 they are grown and that that process should be public,
21 bringing in all the stakeholders as Rhona is saying to look
22 at the draft permit, to look at the conditions that are

1 going to be put in place. That doesn't happen now. Most of
2 the permitting that does occur, the companies submit their
3 proposed conditions. USDA may add some conditions or not
4 add some conditions. It is all done primarily in secret,
5 and then the permit is allowed.

6 I am wondering, asking Rhona, Mike, and others,
7 whether there would be consensus around, at a minimum,
8 having -- agreeing that for food crops that are used to grow
9 pharmaceuticals or industrial compounds that there be a
10 mandatory permitting process that they all be required to
11 have permits and that that process be an open process within
12 an environmental assessment beforehand and a public dialogue
13 beforehand.

14 MR. CHARLES: Are you all ready to sign onto the
15 Greg Plan?

16 Just quickly, I am curious. He has asked for a
17 direct response from Michael and Rhona here.

18 DR. PHILLIPS: Well, there is a lot of things I
19 can agree with, with what Greg is saying.

20 Clearly, you knew -- first of all, we do have a
21 mandatory permit system. Let's not forget that. The point
22 has been made that if for certain classes of proteins that

1 are used for industrials that you can do that under
2 notification, and I think the APHIS folks that are here will
3 concur that that is true. That is an area in which we as an
4 industry when we provide our comments on the FDA/USDA joint
5 document, we will be saying that there should be no protein
6 which is not intended for the food or feed supply that
7 should be done under notification. All of this should be
8 done under mandatory permitting.

9 That being said, I think there is going to be
10 ample opportunity for all of us as stakeholders to be able
11 to comment to the agencies about the system that needs to be
12 put in place and the way that that should be run and that
13 should be handled, and that is a good thing.

14 We cannot, however, get it to the point where we
15 are holding up permits for companies or universities until
16 we get the input from all stakeholders. Stakeholder input
17 is good in terms of helping lay out the rules of the game
18 and how things should be done, the certain types of
19 assessments that should be mandated under certain
20 conditions, but at that point, you have got to back off,
21 turn it over to the regulators. They make the final
22 decisions with regards to what they will or will not accept

1 from all of us as stakeholders, and then they by law are the
2 ones that are responsible for then laying out what the
3 conditions of the permit will be for either that company or
4 that university or whatever the entity is. And that is the
5 only way you can have an operational system.

6 MR. CHARLES: Do you have a quick response, Rhona,
7 to the Greg proposal, mandatory --

8 DR. APPLEBAUM: I agree with what Michael just
9 said in terms that it is mandatory, the permit process. So
10 I think, does it have to be continually refined?

11 Absolutely. Absolutely. But I question, if you will,
12 making sure that everyone, you know, all stakeholders --
13 once the system is in place and it is mandatory in terms of
14 going beyond the permitting process as it relates to
15 everything that is necessary for these plant-made
16 pharmaceuticals and the industrial chemicals, then, again,
17 our regulatory agencies are responsible for not only
18 regulating, but enforcing and ensuring the public's health.

19 MR. CHARLES: Okay.

20 DR. APPLEBAUM: They are there to do the job.

21 MR. CHARLES: Julia?

22 MS. MOORE: I think there are more than 75 people

1 in this room and I think there are probably 75 different
2 opinions on USDA.

3 I think USDA, given the resources that it has got,
4 does a reasonably good job, and, in fact, we shouldn't lose
5 sight of the fact that America has a pretty good safe food
6 supply compared to the rest of the world.

7 I think there are some focused individual
8 questions about the regulatory system, but I think there are
9 some larger questions that we shouldn't forget. One is that
10 I think USDA is terribly under-resourced in this area, and I
11 think if you want a better USDA regulatory system -- and
12 everybody at this table wants that and everybody that is
13 watching this program on C-SPAN wants that -- you have got
14 to give USDA more resources.

15 I think the second point is we are dealing -- and
16 we deal every day in Washington -- with an alphabet soup of
17 USDA, FDA, EPA. We have a system, a regulatory system that
18 is politely called Patchwork Here for Food and Drugs Now
19 that I would contend is inappropriate to 21st-century
20 science. We are looking at pharmaceuticals and plants
21 coming together in a way that we have never seen before.

22 The panelists all had lunch together to sort of

1 sharpen our knives and get to know each other, and we talked
2 about nanotechnology which is going to be another piece of
3 new science that will be a part of this whole equation. We
4 are not ready for that.

5 I think there is a final point, and that is that
6 in our regulatory system, particularly FDA, there is a dual
7 mandate, a mandate to both promote American food products
8 and also to protect public health.

9 I believe that in the future, it is going to be
10 very hard to convince consumers that any regulatory
11 structure can do both, and I think in Europe, they are
12 taking a very hard look at regulatory agencies that have
13 both mandates and they have decided to separate them out.

14 MR. CHARLES: Question?

15 MR. FREEZE: Yes. I am Bill Freeze [ph] with
16 Friends of the Earth.

17 We prepared a comprehensive report on biofarming
18 this summer and talked a lot about ProdiGene because they
19 are one of the leaders in the field and actually warned
20 about the risk of contamination then.

21 I think what most convinced me that open-air
22 biofarming is not feasible without contamination is when I

1 read the leading -- the editorial in the leading biotech
2 journal, Nature Biotechnology, and the authors just flat out
3 said current gene containment strategies cannot work
4 reliably in the field.

5 I think what several panelists have said is
6 correct that you can have perhaps 100-percent containment on
7 paper, but things are very different once you get in the
8 field where you have human error, where you have the
9 vagaries of nature. Nature is simply not a pharmaceutical
10 factory.

11 To add to this, of course, is the problem with
12 USDA regulation, and I believe Greg mentioned the NAS report
13 which came out recently. Some of the specific criticisms
14 that they had were that the USDA had too few personnel, that
15 they inspected some field trials just once at the start of
16 the trial, and, in fact, with industrial chemicals, many of
17 those field trial plots are not inspected at all by the
18 USDA, and that many of the inspectors are often not trained.

19 So I think it is fair to say that, in essence, the
20 USDA lets companies regulate themselves in this area. I
21 hope that will change with the recent ProdiGene
22 contamination incidence.

1 Just one other comment and then a question. The
2 NAS report also questioned the extreme degree of secrecy
3 surrounding this enterprise, specifically confidential
4 business information by which the companies hide the
5 identity of the great majority of the substances that they
6 engineer into these crops and also never reveal the location
7 of the field trials so that neighboring farmers could
8 protect themselves or, for instance, consumers would at
9 least know this is going on.

10 What I found most startling was that a lot of
11 these crops are planted in unmarked plots, as anonymous
12 planting of biofarm crops is supposedly the best way to hide
13 them according to a ProdiGene official and also USDA
14 officials.

15 Then just one more point of information. There
16 has been a lot of talk about other plants, and yet 70
17 percent of the biofarm field trials conducted to date have
18 been in corn. So it is by far the most popular plant.

19 I guess my question is for Ms. Applebaum. I was
20 wondering what you think about the general issue of
21 confidential business information, secrecy in planting
22 locations, and especially the idea of anonymous planting in

1 unmarked plots.

2 DR. APPLEBAUM: The issue as it relates to what
3 may or may not be genetically engineered in terms of if it
4 can be presented in such a way that it is not going to
5 divulge, if you will, proprietary information from a
6 business perspective -- you know, if you could say it is a
7 protein to do X, Y, and Z, I think that type of information
8 is important.

9 The divulging of where this stuff is being planted
10 at the time raises concern, and the reason is not everyone
11 is as reasonable nor as law-abiding as everyone in this
12 room. And what you do when you provide that type of
13 information in terms of the exact directions on how to get
14 to a particular field raises concerns to me as it relates to
15 the potential for sabotage and the potential for the
16 mischief-makers to make an issue. I have a problem with
17 that as I have a problem with anything that has the
18 potential to impact security across the board.

19 So I do have a problem with that. Again, it is
20 only because if we were all of like mind, all reasonable,
21 all moral, ethical citizens, we wouldn't have anything to
22 worry about, but there are the mischief-makers out there,

1 and that concerns me.

2 MR. : I would actually like to expand on
3 that question to you, Allison Snow, as to whether in your
4 research on gene flow, issues of intellectual property and
5 confidential business information, have ever [inaudible].

6 DR. SNOW: I would say yes because it is difficult
7 -- in my research, it is difficult to actually collaborate
8 with companies and get hold of transgenes that you want to
9 study, and as I was preparing to come today, it was hard to
10 find out what pharmaceuticals are as we have talked about.

11 So I think from the point of view of knowledgeable
12 discussion and doing research, it is a very serious problem.
13 I don't know how to overcome it because we want to have
14 access to this information that is very important to the
15 companies to keep secret. It is a very difficult situation.

16 MR. CHARLES: I would actually like to run through
17 a couple of questions from the Internet. So here is a
18 three-parter for you, Michael.

19 Part one, if the USDA policy works (Phillips'
20 statement), why did BIO feel it necessary to issue its own
21 policy with respect to planting areas, I think they are
22 referring to?

1 Part two, what was the rationale for changing
2 BIO's policy in Iowa? And you will have to elaborate on
3 whether there was a change or not.

4 Part three -- or no, question two. BIO issued its
5 biofarm policy just before the USDA's announcement. This
6 is, I guess, the USDA's announcement with respect to
7 Prodigene. Apparently, USDA knew about the contamination
8 weeks earlier. Did BIO also know?

9 And I am going to actually throw in one more
10 question for you here. This is State restrictions on where
11 biofarm crops are grown. Senator Grassley also got
12 assurances from a USDA official that Iowa was okay for
13 biofarm corn. Is our regulatory system affected by
14 politics?

15 [Laughter.]

16 MR. CHARLES: So there is a collection of
17 questions for you to address.

18 DR. PHILLIPS: Well, in terms of -- I take the
19 first one in terms of why does BIO have position statements
20 or policy. This is something we do all the time.

21 This is a part of what we consider to be good
22 stewards of the technology, and we develop policy, position

1 statements on how we are going to maintain the stewardship
2 of the technology, whether we are talking about BT corn or
3 we are talking about roundup-ready soybeans or anything of
4 that nature, as well as the pharma and industrial products.
5 This is something our BIO member companies felt very
6 strongly about in terms of having the spacial isolation that
7 is necessary to assure our colleagues in the food industry
8 and the grain industry that we take these things very
9 seriously and that we are not going to do anything
10 intentionally that is going to harm the food or the feed
11 supply.

12 So that is the long and short of why we have
13 policy and position statements, the type of thing that we do
14 on a fairly routine basis.

15 There has been no change in terms of what our
16 policy is. We have a policy that you can see it up on our
17 website, that basically says that we are looking at all
18 alternative ways in which we can assure the fact that we can
19 meet zero containment.

20 Spacial isolation is one of those areas upon which
21 you can achieve that about as well as any other techniques
22 out there currently today. When we get to the point where

1 we can develop a technology that can assure that for
2 open-pollinated crops, they are no longer going to be
3 open-pollinated and assure then that you can meet zero
4 containment that way, that is a good example of why then you
5 don't need to be focused so much on spacial isolation. But
6 short of that, you have to come up with ways in which you
7 can meet zero containment or you will be in violation of the
8 conditions of your permit. Companies will be in the same
9 position that ProdiGene is today, and companies clearly do
10 not want to be there. So that is the reason for why we have
11 talked about that as a position statement and it is
12 something that we have every intention on following through
13 on.

14 Each of our BIO member companies that are in the
15 business of having field trials today is very committed to
16 that statement.

17 I forget. In terms of --

18 MR. CHARLES: Did you/BIO know about the ProdiGene
19 violations before the announcement?

20 DR. PHILLIPS: There were rumors around that there
21 was possibly something in the works, but that did not --
22 this is a policy statement that we have been spending -- we

1 spent roughly 13 months developing, and we were doing that
2 in the course of educating all of our members as to what the
3 risks were and looking at different alternatives, and it
4 took us basically that long in terms of discussions, over a
5 13-month period, before we could come to a unanimous
6 resolution within our companies that are in this business
7 that we could then feel comfortable in issuing a position
8 statement. So that is the genesis of that.

9 Your last one was on States?

10 MR. CHARLES: Well, it was a reference to, if I
11 understand it correctly, the idea as stated at one point at
12 least on the BIO website that there wouldn't be planting of
13 open -- of out-crossing crops in areas of major growing of
14 those crops, commercial growing of crops.

15 Then there was a statement by Senator Grassley, I
16 believe, saying that is a terrible idea.

17 And then it seemed, at least to me, that the
18 statement on the BIO website softened that a good bit. It
19 said there might be other ways of assuring containment
20 wherever it is grown.

21 DR. PHILLIPS: Sure. And what that is, is a
22 clarification of our original statement where we did not

1 specify as much in terms of looking at alternative ways.

2 If there is an alternative way, we certainly will
3 follow it if it gets us to the same point, but short of
4 that, our member companies are committed to spacial
5 isolation to ensure that we can get the proper separation so
6 that there is no contamination of the food or feed supply
7 because of finding a substance that is not approved for food
8 or feed.

9 If that can be done in the Midwest, companies will
10 certainly try to find a way to do that, but I think it is
11 pretty obvious to most folks that it is easier to find that
12 spacial isolation in areas of which there is not major
13 productions of that crop that is used as a commodity. So it
14 just makes it easier for companies to try and do it in other
15 parts of the U.S. or offshore, but there is always the
16 possibility that if we can find ways to work that in areas
17 where we can assure that there is adequate spacial
18 isolation, our companies will do their best to try and
19 follow that.

20 MR. CHARLES: I don't know who was first, but I
21 will go back to a question on that side.

22 MR. RAND: A quick question. Matt RAND [ph] with

1 the National Environmental Trust, actually three quick
2 questions here.

3 We have been talking all afternoon about the weak
4 regulatory system, the weak mousetrap. Ms. Applebaum stated
5 that it appeared that USDA was lucky in this case in the
6 ProdiGene incident. Is it possible that there has already
7 been a biocontamination that has already entered into the
8 food supply that the USDA did not catch? That is one
9 question specifically.

10 Two, FDA has stated that this contaminant was a
11 human drug. ProdiGene states that it was an animal drug.
12 What was the contaminant?

13 Then, lastly, according to the last question, also
14 according to the news, that USDA knew about the
15 contamination for weeks before it was actually reported.
16 What was the rationale for USDA not alerting the public to
17 this incident?

18 MR. CHARLES: Who would like to take those
19 questions on?

20 DR. APPLEBAUM: I will just go with your first
21 one, and the answer is I don't know.

22 One of the things I want to make sure that is

1 understood is that the National Food Processors Association
2 has not said the mousetrap is weak. We have identified a
3 weak link in the system that is currently being used, but
4 that was one system that was being used out there. We have
5 heard from other folks that they do have systems in place
6 that are secure, that will contain to meet our standard. So
7 we can't say that they are all weak. We just haven't seen
8 them yet.

9 MR. CHARLES: On the issue of exactly what the
10 contaminant was, does no one know exactly what it was?

11 MR. JAFFE: I was going to answer both, the first
12 and the second question, with I don't know either.

13 I think that one of the problems, which has been
14 brought up here before, is the lack of information that
15 comes out of APHIS and USDA. I can't answer because I don't
16 know. I don't think they have specifically stated what
17 proteins were in the ProdiGene instances both in Nebraska
18 and Iowa with certainty, at least I haven't seen documents
19 regarding that.

20 Similarly, I think as to whether we have had
21 containment up until now or whether there has been a breach
22 and things have gotten into the food supply, I don't think

1 we know. I mean, I know that APHIS has said in their OSTP
2 statements that they have had inspections and they have
3 found some violations and they have dealt with them, but I
4 think that generally we don't have a good idea of what their
5 inspection system is, what their oversight system is, and we
6 haven't seen inspection reports or other kinds of things to
7 give some confidence that the proper precautions have been
8 taken to make sure that they haven't overlooked a mistake
9 that happened.

10 MR. CHARLES: And actually, I think your third
11 question was asked earlier about whether the contamination
12 was known earlier, and the answer earlier was there were
13 rumors and so forth.

14 Question over here?

15 MR. SAFFORD: David Safford [ph], Bureau for
16 National Affairs.

17 I would like to take two points and integrate them
18 a little bit. One point is that the food industry is
19 currently operating under a zero-tolerance requirement for
20 unapproved substances in food. We have also had Dr. Snow's
21 interpretation of events coming up soon that essentially it
22 is going to be exceedingly difficult to contain a lot of

1 these genes which to me implies that a certain amount will
2 get out.

3 I would like the panel to predict the future for
4 the policy of zero tolerance. Will it actually be a
5 realistic policy for the future?

6 MS. APPLEBAUM: I will go first with the
7 plant-made pharmaceuticals and the industrial chemicals, we
8 don't know. We don't know.

9 Zero tolerance absolutely is a high hurdle, and it
10 is a very high hurdle when we are dealing with naturally
11 occurring contaminants. Here, we have an intentionally
12 introduced unapproved compound, but with that said, as a
13 scientist, I am not going to predict with lack of evidence,
14 with lack of data what the future is going to hold. Again,
15 we are leaving the opportunity to the stakeholders to come
16 to the food industry and say they do have that better
17 mousetrap. So I am not going to prejudge or put words in,
18 in terms of what my thoughts are, what my views are. As a
19 scientist, I can't do that without the data. That would be
20 irresponsible for me to do.

21 MS. SNOW: I think you bring up a really important
22 point which is to reiterate that. I don't think zero

1 tolerance is practical. I don't think we know enough about
2 how far pollen goes, where seeds are disbursing, human
3 errors, seeds that come up the next year in someone's
4 soybean field. This is really the first discussion I have
5 been at where people have required zero tolerance. We are
6 always saying maybe we could settle with like .1 percent or
7 .05-percent contamination, and that is achievable, but I
8 have never been in a discussion where scientists were saying
9 that zero tolerance was possible, including the USDA when
10 they set up the isolation differences for field trials.
11 They know that they are aiming for confinement and not
12 containment.

13 So it is one of these abstract concepts that I
14 don't think is achievable, and so there is a definite
15 problem here.

16 MR. CHARLES: Identify the problem here. Yes,
17 Greg.

18 MR. JAFFE: I mean, I might also add that if you
19 look at USDA's documents, if you look at the OSTP proposal
20 that occurred in August, the USDA/FDA guidance, they never
21 talk about zero tolerance. They talk about confinement or
22 containment. They never say what they are trying to

1 achieve, and that is one of the problems is they don't say
2 what their goal is.

3 I also might just comment that although you are
4 talking about the zero-tolerance world, just because
5 something gets in the food -- one of these things gets in
6 the food supply doesn't automatically make that illegal.
7 The statute that FDA works under says that they have to
8 prove that it is adulterated, that the burden is on FDA to
9 come in and show that a product has been adulterated before
10 they can get that product off the market.

11 So I just wanted to clarify that from some of our
12 earlier comments before that the system as it is set in
13 place now really -- if these things get into food, it is
14 really the burden of FDA to come in and get it off the
15 market.

16 MS. MOORE: I love speculating about the future.

17 I think that zero tolerance is an admirable goal,
18 but I also see problems as to how in a fallible human world
19 we achieve that.

20 If I had to predict the future, I think that we
21 will probably not have zero tolerance as it has been thrown
22 around as a sound bite today, but we will have a safe food

1 system.

2 I think in deference to Rhona, we will also have a
3 much more transparent system. You are going to have to
4 identify where these products are grown. You are going to
5 have to deal with those security systems in a way that still
6 allows the public some knowledge, and the interested public,
7 the farmers or communities around these fields to know what
8 is going on.

9 In Europe, they have tried a system in the area of
10 genetically modified food even for their farm-scale field
11 trials, not reveal to the public the locations of these
12 field trials, and I think they have, in fact, encouraged the
13 kind of vandalism and security problems that all of us worry
14 about.

15 I believe we will have a stronger regulatory
16 system. I think the responsibilities will be more clearly
17 delineated. I believe there will be more resources
18 available for USDA and FDA and EPA not only to do the kind
19 of policing that Greg has talked about, but also to set up
20 independent laboratories to do much of their own testing and
21 to rely less on industry information.

22 My hope -- and this is not a production -- and

1 that is that there will also be more public monies, re
2 taxpayer monies, being put into developing these
3 biopharmaceutical products, not just the businesses of this
4 world, but public sector dollars devoted to public good.
5 That is my hope.

6 I think that the error where you can have
7 voluntary industry standards in almost any regulatory
8 context is dying out. I really think that we are going to
9 see that end because public opinion will not tolerate
10 voluntary.

11 I finally believe that one of the good -- whether
12 it was intended to not -- consequences of the information
13 age is that you are going to have a much more sophisticated,
14 educated consumer, whether it is in the United States or
15 Bangladesh, and they are going to require this kind of a
16 future that I have just tried to broadly outline.

17 MR. PHILLIPS: Just one quick point.

18 MR. CHARLES: You will have to be brief. We are
19 running out of time.

20 MR. PHILLIPS: Okay. But just to your point, I
21 think one thing that we haven't mentioned -- there are a lot
22 of things that I agree with that my colleagues on the panel

1 have said in response to your question, but one thing we
2 have not really pointed out here is that a reminder to all
3 of us that this area is regulated by what we call the
4 coordinated framework, and this is working -- the agencies
5 working together in terms of coming up with the regulations
6 that is going to meet all of the statutory requirements for
7 the agency.

8 So the fact that FDA is working in conjunction
9 with USDA in these matters, that is going to continue. That
10 is what APHIS takes as its guidance in terms of knowing that
11 for FDA we have got to meet a very, very tight standard here
12 in terms of zero tolerance. So that clearly weighs heavily
13 on the thinking within APHIS of what are going to be the
14 permit conditions that allow that to happen.

15 MR. CHARLES: Just so we get all of the questions
16 in before we have to shut down at 3:00, I would actually
17 like to get both of your questions in, in a row, if that
18 would be all right, so both of you from this side.

19 There are no others waiting on that side? I don't
20 think so.

21 MR. KONKOO: I am Greg Conko [ph] with the
22 Competitive Enterprises and I actually have a follow-up.

1 David trumped half of my question.

2 I guess my question is to Rhona, probably to Mike,
3 and I would be curious if the other panelists had thoughts
4 on this.

5 The food industry, the technology industry for a
6 long time have worked very closely with the regulatory
7 agencies in developing policies and in some cases even led
8 the regulatory agencies in asking for heightened scrutiny of
9 certain things related to transgenetics and bioengineering.

10 So I guess my question is: Is there any effort
11 underway or a plan to go to the regulatory agencies now and
12 ask them for the development of procedures that would allow
13 -- establish, say, a tolerance or a permissible exposure
14 level of proteins or other gene products in much the same
15 way that there are permissible exposure levels to things
16 like rocks, sticks, rodent feces, aflatoxinal [ph], a whole
17 range of other impurities that are not considered
18 adulterants under the act?

19 MR. CHARLES: I would like to take a note of that
20 question. Don't forget it. If we can get the next one as
21 well.

22 MS. Kochenderfer: I have a statement as well as a

1 question. I am Carol Kochenderfer [ph] with the Grocery
2 Manufacturers of America, and we have been heavily invested
3 in the biotech issue for nearly 5 years. In fact, we have
4 had a panel of food industry executives looking at this
5 issue for nearly a year.

6 I think it goes without saying that -- I think to
7 Julia's point, biotechnology continues to create very
8 exciting opportunities, but it also continues to challenge
9 conventional agriculture in many new and unforeseen ways, and
10 it is those challenges that we need to continue to live
11 with.

12 I think GMA members have some very grave concerns
13 about the ability of the regulatory system to isolate and
14 contain these products, but I think it is more than just the
15 regulations alone. It is a mind-set. To address issues of
16 human error and 100-percent isolation and confinement, it is
17 not the regulations alone. It is the mind-set with how
18 these products are handled and managed.

19 That said, I want to kind of ask Mike a question.
20 I think there is an impression a little bit earlier that
21 this is an economic opportunity for every Midwestern farmer,
22 and it is my understanding that that is not the case, that

1 this is just as communities are isolated and selected for
2 pharmaceutical manufacturing plants, that is the rare and
3 unique farmer that would be selected to growing these crops.

4 MR. CHARLES: Got the questions. Why no
5 tolerances, Rhona Applebaum?

6 DR. APPLEBAUM: Oh, I thought Mike was going to go
7 so I could try to remember question number one.

8 But I was wish you right until the time you
9 started talking about the tolerance, and I have a -- we have
10 a problem with tolerances. I have a problem with
11 tolerances.

12 When you are dealing with -- and again, it is not
13 the defect action levels that we deal with on a day-to-day
14 basis when you are talking about the naturally occurring
15 contaminants that are out there. If you grow crops in a
16 field, you are going to get rocks. Unless you can isolate
17 and contain or confine the rodents, you are going to have
18 hairs and droppings. This is different. This is different.

19 You are introducing something into the corn plant,
20 into the environment, into the food system that isn't there,
21 that is going to be used in a pharmaceutical production
22 facility to produce wonderful therapies for mankind.

1 So my point to you is no, we are not accepting of
2 the tolerance.

3 MR. CONKO: Irrespective of whether or not a
4 particular substance could be determined as safe?

5 MR. CHARLES: We are going to be shut down here in
6 about 2 minutes.

7 DR. APPLEBAUM: The answer is we are not for
8 tolerances in terms of this particular situation.

9 The issue as it relates to perception is reality
10 for the consumer. Oh, we only have a little bit of this
11 protein that is, if you will, the antidiarrheal or
12 something. It is a tough one. We want the public to stay
13 with us on ag biotechnology. It is of great benefit.
14 Whether you are talking about the environment, whether you
15 are talking about the foods you eat, whether it is talking
16 about human health in terms of what you can glean from
17 naturally occurring substances in foods, but when you go
18 outside that realm, whether it is an industrial chemical or
19 whether it is a pharmaceutical, there is a problem there,
20 and we must maintain the confidence of the American
21 consumer. We don't want to go the route that the Europeans
22 did, and to do that, we have to -- that consumer trust is so

1 valuable to us and so dear and so tenuous, we are not going
2 to risk it.

3 MR. CHARLES: Michael, in 30 seconds or less, have
4 you been over-promising the American farmer?

5 DR. PHILLIPS: Well, I think there has been a lot
6 of misinformation about with regards to what the economic
7 bonanza is going to be out in the Midwest and other places
8 around the country for this technology. The long and short
9 of this is it is going to mean for a few farmers on a few
10 acres that they are going to -- if they are selected by
11 companies to grow and they will be licensed to grow these
12 crops, they will receive an economic benefit, but we are not
13 talking about thousands of farmers. We are not talking
14 about tens and hundreds of thousands of acres. This is
15 going to be very small scale because the amount of protein
16 that can be produced for what is needed by the
17 pharmaceutical industry is so small, and that is one of the
18 great benefits is that on a very small acreage, you can
19 basically grow what would be the demand for a year for a
20 pharmaceutical company.

21 MR. JACOBSON: The plug is going to be pulled, I
22 am afraid.

